				N96095.AR.000503 NWIRP CALVERTON NY 5090.3a
k*1-21				1
	1			ORIGINAL
	2	Naval Weapons Ind	ustrial Reserve Plant	
	3	Calverton, New Yo	rk	
	4			
	5	Public Meeting		
	6		X	
	7			
	8		7: April 1	00 P.M. 7, 2002
	9		Riverhead	Town Hall
	10		200 Howell Riverhead,	Avenue New York
	11	PRESENT:		
	12	Jim Colter	Naval Facilities Engin	eering
	13			
, भ्यक्ति	14	Judy Lamey	Tetra Tech NUS	
	15	Jeff McCullough	NYSDEC (Albany)	
	16	roster wheeler		
	17			
	18			
	19			
	20			
	21			
	22			
-	23	FREELANCE	L.I., INC Court Report	ers
	24	2 Baiting	59 Southfield Road Hollow, New York 11933	
<u>ب</u> بریاری	25	Voi E-mai	ce (631) 369-2912 Fax l FLIReporters@aol.com	

1.

Proceedings 1 MR. COLTER: It's 7:15, and we'll let 2 the record show we convened the meeting. I'd like 3 to thank, first of all, Jeff McCullough, from the 4 New York State DEC, for showing up. Andrea 5 Lohneiss, from the Town of Riverhead. And Harry 6 Hinston, is our lone representative. At this point, 7 I like to put it out to Harry and Andrea, if you'd 8 like me to proceed with the presentation due to the 9 lack of public attendance. 10 MR. HINSTON: Go forward. 11 MR. COLTER: Okay, well, then, we 12 will. 13 My name is Jim Colter. I met you 14 about a month ago, I'm with the Navy's Facilities 15 Engineering Command, out of Philadelphia, I'm the 16 remedial project manager for the Calverton site. We 17 are here to talk about the Installation Restoration 18 Site 7, which is our Fuel Depot Area, formerly 19 operated by Northrop Grumman when they were in 20 operation here. 21 As you might recall from last time, 22 we are following the CERCLA process, in our 23 investigation and cleanup of this site that was 24 enacted in 1980 by Congress and consists of the 25

FREELANCE LONG ISLAND, INC.

COURT REPORTERS

	3
1	Proceedings
2	steps that you see here, Preliminary Assessment,
3	Site Ivestigation, Remedial Investigation,
4	Feasibility Study, Record Of Decision, Remedial
5	Design, Remedial Action.
6	Record of decision is the spot we are
7	at now. Followed by design and construction.
8	This shows the flow chart of the
9	stages I just went over, and how they relate to the
10	process at Calverton. We did an assessment study in
11	the late '80s, followed by a site investigation in
12	1992.
13	We then switched to the RCRA
14	terminology versus CERCLA terminology, and a site
15	investigation in '95, followed by a RCRA facility
16	assessment, which is the same as a remedial
17	investigation, from '94 through '98. We did a
18	feasibility study or corrective measures study,
19	earlier this year. We are in the remedy corrective
20	stage at this site. Tonight we are going to
21	specifically talk about the Fuel Depot.
22	There's a map, the field depot is
23	Site 7, it is part of this parcel here, with the Jet
2.4	Fuels Systems Lab. The site description, it's about
25	400 by 150 feet. As I showed earlier, it is in the
· · · · · · · · · · · · · · · · · · ·	"我们的你,我们们就是你们的你,你们们就是你们的你?""你们,你们们就是你们的你们,你们们就是你们的你?""你们,你们们不是你们,你们们就是你们,你们们不是你们。

Proceedings

1

2	middle of the industrial area. It was used to store
3	jet fuel, diesel fuel and gasoline and underground
4	storage tanks. These tanks ranged in size from
5	4,000 gallons to 50 thousand gallons. As of April
6	1998, all of the tanks have been removed from the
7	site. There is no longer any tanks remaining. The
8	site is enclosed by a fence and there's a
9	combination of gravel and concrete and macadam, and
10	there's one building that remains, the old pump
11	house. This is a photo of the Fuel Depot, looking
12	north. This building is not the pump house. This
13	is a building now owned by the Town of Riverhead.
14	It's the old facilities maintenance area. So you're
15	looking north. This dirt area, here, is where all
16	of the tanks were formerly buried.
17	Another shot, looking more northeast.
18	You can see more of the dirt area where the tanks
19	were buried. And over on the eastern end, it's
20	heavily wooded.
21	Again, site history. It was used for
22	fuel storage, it was constructed in 1954 and
23	operated by Northrop Grumman through '96.
24	Throughout the active period, the tanks changed in
25	size and material to conform with the environmental

FREELANCE LONG ISLAND, INC.

COURT REPORTERS

Proceedings

1

2

3

4

5

6

7

8

9

regulations of the time. Again, all of the tanks as of 1998 have been removed.

Here's a shot of some older tanks. These are about 4,000 gallon tanks. There's a little bit bigger tank. I think that's a 10 thousand gallon tank? And then the last tanks removed, were these 50 thousand gallon tanks, and those were done in '98.

10 Our investigative history of this 11 site. Again, we conducted a preliminary assessment, or initial assessment study, in 1986. Northrop 12 13 Grumman initiated a free product investigation in They installed 34 monitoring wells to 14 1988. delineate the extent of free product. The Navy 15 followed up a few years later with a site 16 investigation, to determine if the site was indeed 17 18 contaminated. And we did confirm the presence of 19 contamination in groundwater. So we recommended a 20 more intensive field exercise.

Did that in 1994-1995. We collected 46 soil gas samples, putting a probe in the ground, measuring the airspace in the soil. Where we got high readings, we biased our soil sampling locations in those areas. We did eight soil borings. We

FREELANCE LONG ISLAND, INC.

COURT REPORTERS

	6
1	Proceedings
2	installed 24 temporary groundwater monitoring wells,
. 3	and then put 10 permanent ones in, to continue
4	monitoring the site over the years.
5	This led us to be able to define the
6	extent of the groundwater contamination, but there
7	were some data gaps that were identified. So we
8	conducted a Phase 2 Remedial Investigation in 1997
9	through 1998. We installed another 12 monitoring
10	wells and an additional permanent well. We
11	collected 13 additional soil samples from under the
12	50 thousand gallon tanks. That was one area that we
13	weren't able to get soil samples in the past,
14	because of the presence of tanks. When the tanks
15	were removed, a hole was opened and we took
16	advantage and took some soil samples from below the
17	tanks.
18	In 1998, after Northrop Grumman had
19	already left they vacated in February of '96, I
20	believe. We wanted to see if there was any free
21	product remaining at the site that might interfere
22	with any remedial system that we may choose to
23	install. So we did what's called an engineering
24	evaluation and a cost analysis to determine whether
25	or not there was any recoverable free product

Th I		
Ura	70071	$n \alpha \alpha$
E 1 ()(RECH	110.5
		<u>-</u> <u>-</u>

1

2

3

Δ

5

6

remaining on the site. Basically, that study revealed that Northrop Grumman removed 174 gallons over the ten years that they had it installed, and there really wasn't anything left to recover from the water table.

7 What our investigations revealed was 8 we did have petroleum contaminated groundwater. 9 Because it's petroleum, the contaminants were toluene, ethylbenzene and xylene. We feel we have a 10 11 well-defined plume at this point. We are noticing that it is not migrating very far. I'll show you a 12 13 picture in a minute. We think there might be a 14 little bit of natural attenuation that's taking 15 place at the far edge, and that there's no other 16 source remaining to continue to feed the plume. 17 We did hit a small freon pocket on the groundwater. I'll go over that in a second. 18 19 And we did find that all the petroleum contaminated 20 soils were removed when all the tanks -- different 21 tank removal efforts were done. So we don't have 22 any surface soil contamination. We don't have any subsurface soil contamination, other than soil that 23 24 remains at the groundwater and soil interface, where 25 groundwater meets the soil. This is a result, we

FREELANCE LONG ISLAND, INC.

COURT REPORTERS

8 Proceedings 1 feel, of the groundwater contamination and not 2 general soil contamination. 3 This shows our boundary of our plume. 4 This shows our outer boundary of the xylene, 5 ethylbenzene and toluene contamination. The smaller 6 one, here, is our freon plume. When we put a 7 monitoring well in there, Northrop Grumman actually 8 put the well in, they discovered a freon hit, turned 9 it over to the Navy, we continued the investigation 10 and we determined that was about the size of the 11 freon contamination in the groundwater. 12 These areas, here, show the direction 13 of flow basically to the east, and there's a 14 groundwater divide on Long Island. Things to the 15 north, flow northeast. Thing to the south, flow 16 southeast. We happen to be right in the middle. So 17 we are seeing more of a due east groundwater flow 18 direction. 19 Now we get into the feasibility 20 study. What were some of the alternatives that we 21 We take -- a lot of technologies are looked at? 22 What we do is we try to put them up out there. 23 against these eight criteria items and try to pick 24 the best one that accounts for the majority of them. 25

FREELANCE LONG ISLAND, INC.

	9
)	Proceedings
2	You have your threshold criteria, which is basically
3	they have to meet these two requirements or we throw
4	them out all together: That's overall protection of
5	human health, and compliance with state and federal
6	regulations.
7	Then we get into the balances
8	criteria, is it effective, is it permanent? Does
9	it reduce toxicity and mobility, is it
10	implementable, is it cost effective.
11	Then finally, we go to the criteria,
12	what does the state and the community like to see us
13	do?
14	The alternatives that we considered
15	for Site 7, was the no-action alternative. We do
16	that as a matter of policy. We want to measure
17	everything else against that. We do carry it
18	through, although it doesn't meet the minimum
19	criteria of protection of human health and the
20	environment, in compliance with federal and state
21	regulation.
22	The second one was institution
23	controls and natural attenuation. Putting a deed
24	restriction on the site and letting things naturally
25	biodegrade. This does meet the protection criteria,

1

2

3

4

5

6

7

8

9

10

11

12

13

but it takes a long time to naturally biodegrade at the levels of contamination that we have. So we would end up with a long-term land use restriction and long-term liability on the Navy's part.

The third alternative is a pump and treat system, groundwater extraction treatment and discharge. Again, this meets the goal of protection of human health. It is effective in containing the groundwater contamination, although it's very slow and it's very costly. Typically, we estimate 30 years on a pump and treat system is a minimum time to meet a goal.

The fourth alternative is what we 14 call air sparging and bioventing. If you picked up 15 a fact sheet, there's a schematic of it on the back 16 page of it? It is basically a way of putting wells 17 in on the site and injecting oxygen into the 18 groundwater. And enhancing the biological 19 degradation of the contaminants. We feel we can do 20 a source removal within a two to four year period. 21 That will get most of the contaminants in the 22 groundwater, down to a very low level, probably to a 23 level where it is no longer cost effective to run 24 this type of system. And then we'll go back and 25

FREELANCE LONG ISLAND, INC.

COURT REPORTERS

Proceedings

1

2	we'll have to reevaluate maybe switching to another
3	type of active system. Or maybe at that point,
4	natural attenuation. But we'll have to run this
5	system first and see how good of a job we do.
6	The last alternative we consider, is
7	bioremediation, with oxygen releasing compounds.
8	That is basically putting a curtain of wells in on
9	the site and injecting some chemical that is rich in
10	oxygen. It basically does the same things that the
11	air sparge system does. It's a way of throwing more
12	oxygen into the system to enhance biodegradation.
13	It basically has the same advantages as air
14	sparging. The one disadvantage, it's more costly.
15	So, basically, what we concluded is
16	that we feel that alternative four is going to be
17	the preferred remedy to clean up this site. And
18	that's basically it. Do you have any questions.
19	MR. HINSTON: Seems like a small
20	little area to clean. But basically you're going to
21	pump oxygen down into the water table around the
22	circumference of the plume and aerate it.
23	MR. COLTER: And then from within the
24	plume. And then we'll put other wells in to extract
25	the vapors and treat the vapors before we release

FREELANCE LONG ISLAND, INC.

COURT REPORTERS

Proceedings 1 it. 2 MR. HINSTON: There is no liquid to 3 pump out. 4 MR. COLTER: There's no free product. 5 If there was a thick layer of product, that would 6 short circuit this type of system, that is one of 7 the reasons we went in. We felt halfway through our 8 investigation, this would be a good site to use air 9 sparging because of the sandy soils. But if there 10 was a thick layer of product there, it would 11 short-circuit it. So we went in and determined 12 early whether that was going to happen, or not. We 13 found that there was no product left. Air sparging 14will take care of whatever little sheen might be 15 left on the groundwater. 16 MR. HINSTON: The freon, how did that 17 Where did that come from? accumulate? 18 MR. COLTER: The best we can tell, I 19 don't think we have a picture of it -- this is a 20 fuel distribution pipe. What Grumman used to 21 do -- that same pipe I just showed you, runs over 22 here, it crosses the road and goes to a fuel storage 23 area that's on the other side of the road. What 24 they used to do was -- they didn't want to pressure 25

FREELANCE LONG ISLAND, INC.

	13
1	Proceedings
2	test the pipe with a typical medium I'm not sure
3	what they might have used in case it failed. But
4	they used freon.
5	MR. HINSTON: As a coolant.
6	MR. COLTER: To pressure test the
7	pipe, to see if it had any leaks or anything like
.8	that. They didn't want to put the fuel through it
9	to see if they had a leak, so they ran the freon
10	through it to pressure test it before they started
11	pumping millions of gallons of fuel product through
12	the pipe. They probably had a couple of leaks and
13	things in the beginning. That is how we feel the
14	freon got down there.
15	Freon is a volatile organic. It will
16	react the same. With the addition of oxygen, it
17	will breakdown. So it's another reason this
18	alternative is good, because we can attack this area
19	with the same system. We don't have to put
20	something separate in.
21	MS. LOHNEISS: Jim, there's nothing
22	on the other side of the road that you have to do.
23	MR. COLTER: The other side, over
24	there is the Jet Fuel Systems Lab, and we
25	basically have split this site so the road isn't
et al second de la companya de la co	<u>an an a</u>

	1 , where 1 , 1
1	Proceedings
2	blocked.
3	MS. LOHNEISS: Oh, right.
4	MR. COLTER: This building over here,
5	is the Jet Fuels Systems Lab. At one point, when we
6	were investigating the freon, Northrop Grumman had
7	found I'm not sure how they found something in
8	their report when they transferred the property?
9	And so the Navy agreed to take over the
10	investigation so they could get out of their
11	contract sooner. We would make it part of our
12	program. When we went out and did groundwater
13	sampling, we found sporadic hits of breakdown
14	products of 1, 1, 1 TCA. We found 1, 2 DCE, which
15	is a breakdown product of TCE, and things like that.
16	But very low, very sporadic. And we really we
17	just put those results in a report and really
18	haven't gotten any adverse comments regarding it.
19	MS. LOHNEISS: But you retained
20	ownership of that area.
21	MR. COLTER: Yes. When we took
22	ownership in '96, there was still some of the wells
23	to put in. Our plan right now for Site 10, is to go
24	over that data again and dust it off, so to speak,
25	and put together a finding of suitability to

	15
1	Proceedings
2	transfer, with the backup data.
3	MS. LOHNEISS: With Site 7.
4	MR. COLTER: Not with Site 7.
5	MS. LOHNEISS: Okay.
6	MR. COLTER: We want to try to get rid
7	of that parcel. The building is deteriorating. I
8	don't know if you have been out there. Judith
9	Hare, who owns the property, asked us to expedite
10	the transfer of that parcel if we can, because the
11	building is in bad shape. Our goal is to dust that
12	analytical data off and make sure it supports a
13	suitability document. If it does, we'll send it out
14	and go from there.
15	Anything else?
16	MR. HINSTON: I guess that's it.
17	Seems pretty simple, cut and dry, two to three years
18	aerate it.
19	MR. COLTER: Hopefully, it is shallow,
20	conducive because of the type of contaminant to
21	breakdown with oxygen and.
22	MR. HINSTON: Seems like Grumman, when
23	they had the facility, they kept up on it, monitored
24	the tanks, consumption versus lost product.
25	MR. COLTER: When the tank regs
	<u>een tale a substantis da antis da antis</u>

1	Proceedings
2	changed, they were pretty good about changing the
3	site as a whole. It wasn't as dirty as you might
4	think after so many years of operation. And these
5	four parcels is what's left that need to be cleaned
6	up, and we are taking care of the two core ones
7	right now so
8	MR. HINSTON: Seems like a simple fix.
9	MR. COLTER: Well, I appreciate you
10	coming out.
11	MR. HINSTON: I enjoyed the
12	air-conditioning.
13	MR. COLTER: Wish there was more
14	people here for you. If there's nothing else, we'll
15	conclude the meeting.
16	(Time noted: 7:39 p.m.)
17	-000-
18	
19	
20	
21	
22	
23	
24	
25	

CERTIFICATE

17

STATE OF NEW YORK)) ss. COUNTY OF SUFFOLK)

1

2

3

4

5

6

7

17

18

19

20

21

22

23

24

25

8 I, JENNIFER MAUE, a Registered 9 Professional Reporter, do hereby certify that the 10 foregoing Matter, taken at the time and place 11 aforesaid, is a true and correct transcription of my 12 shorthand notes.

I further certify that I am neither counsel for nor related to any party to said action, nor in any wise interested in the result or outcome thereof.

IN WITNESS WHEREOF, I have hereunto set my hand this 24th day of April, 2002.

JENNIFER MAUE